

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
DEPARTMENT OF TOXIC SUBSTANCES CONTROL
PUBLIC SCOPING MEETING
FOR THE PG&E TOPOCK COMPRESSOR STATION
NOTICE OF PREPARATION
FOR THE DRAFT ENVIRONMENTAL IMPACT REPORT

Thursday, June 5, 2008
5:00-7:00 p.m.

Big River Development Enterprises
150313 Rio Vista Drive
Big River, CA 92242

REPRESENTATIVES

SUSAN WILCOX

AARON YUE - DTSC

JEANNE MATSUMOTO - DTSC

Transcribed by
Statewide Transcription Services
On Behalf of
EDAW

1 BOBBETTE BIDDULPH - EDAW
2 LESLIE REDFORD - EDAW
3 LEAHA MURPHY - EDAW
4 NANCY GRAHAM - EDAW
5 JAMIE CLELAND - EDAW
6 STEV WEIDLICH - EDAW

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

<u>INDEX</u>	<u>PAGE</u>
Call to Order and Presentations.....	4
Public Comments.....	23
Adjournment.....	27

1 Transcriber's Certification.....28

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

1
2 **MS. MATSUMOTO:** Welcome. Thank you for being here and
3 thank you to the (inaudible) for letting us use this
4 room. That's very nice. Thank you. My name is
5 Jeanne Matsumoto and I'm a Public Participation
6 Specialist with the State of California Department of
7 Toxic Substances Control. The Department of Toxic
8 Substances Control is a department under the
9 California Environmental Protection Agency and it is
10 the lead regulatory agency for the environmental
11 investigation and clean-up of the Topock Compressor
12 Station. Today, we will be taking comments and if you
13 don't feel like making a verbal comment, we
14 understand. We have forms outside. I, myself,
15 usually don't stand up in a meeting and speak unless
16 they make me. So, I understand. You're welcome to
17 leave a written comment or submit a written comment to
18 the contact information that will be at the end of
19 this presentation. We won't be responding to comments
20 today. What we'd like to do is take the comment,
21 officially close the comment portion of the meeting
22 and then be here for any questions you may have.
23 We'll stay as long as you like. The purpose of this
24 meeting is to gather input for the Environmental
25 Impact Report. So, it is our intention to gather

1 input from agencies, tribal governments and
2 representatives and members, stakeholders, and the
3 public. We're looking for information about
4 environmental issues to be analyzed and possible
5 solutions or remedies, mitigation measures. If this
6 had been a large crowd, I would have passed out cards
7 and then had you fill them out with your name and then
8 we could call them, but since this is a nice, small,
9 intimate group, we won't do the paper. Instead, if
10 you have a comment, please stand and give your name
11 for conversational purposes. Your name won't be
12 recorded or be part of the administrative record. We
13 are recording today. We have two ways of recording.
14 One is a small digital recorder and the other is
15 written. We will be writing down your comments as you
16 make them, a graphic recording. You should all have a
17 copy of the agenda. You should also have a copy of
18 this slide presentation, and there is a green meeting
19 evaluation form, that's for me. If you can think of
20 some way to improve the meeting or if you think the
21 meeting was fabulous and you want to let us know, then
22 fill the green form out and leave it on the table.
23 There are also copies of fact sheets. We'll start the
24 agenda with introductions, then a project background.
25 We'll have an explanation of the EIR process,

1 comments, we'll close the comments and then we'll be
2 here as long as you'd like for questions and answers.
3 The DTSC Project Team includes the four people listed
4 up there. There's Watson, Karen, Aaron, and myself.
5 The office of planning and environmental analysis
6 includes Kathie and Bill, who are not here, but Susan
7 is here in the back row. And EDAW, EDAW is an
8 independent contractor that's tasked with developing
9 the EIR or helping to prepare it. We have Bobbette,
10 Nancy, back there hiding, Leah, Stev, Jamie, and
11 Leslie's around the corner. And at this time, I'd
12 like to turn the meeting over to Aaron who will talk
13 about the project.

14 **MR. YUE:** Thank you, Jeanne. I'm just going to stand on
15 this side so I won't cross the projector, not too many
16 of you don't know, but my name is Aaron Yue. I am the
17 Project Manager for this particular project. I would
18 like to thank all of you for being here. I respect
19 the time this evening to be here. What I'm going to
20 do for my portion of the presentation is just to give
21 you a quick overview of what's been happening at the
22 site and the site project background and a little
23 overview of what the investigation's been like and
24 also the clean-up process. So, let's start with
25 project background. PG&E, Pacific Gas and Electric

1 Company's Topock Compressor Station is located about
2 15 miles southeast of Needles, California. The site
3 is considered and has cultural and spiritual
4 significance to the Native people, that's why you guys
5 are actually here. The station is also surrounded by
6 federal land that are wither owned by the Bureau of
7 Land Management or owned by the Bureau of Reclamation
8 and managed by the Havasu National Wildlife Refuge.
9 And this is a diagram or a map of where the Compressor
10 Station is. It's right about here, Topock is right
11 there, of course Needles. It's kind of hard to see
12 exactly what the site is like but we do have an aerial
13 photo for people to take a look at and understand
14 where the Compressor Station is in relation to the
15 river and the bridge and the freeway. Operational
16 history, PG&E has owned and operated the Topock
17 Compressor Station since 1951 and as part of their
18 normal operation, all that they do at the Compressor
19 Station is to compresses the natural gas that's coming
20 in from the Southwest states and push it to their
21 clients or users in Northern California and Central
22 California. The natural gas that they compress is the
23 gas that you use at home for heating, for cooking.
24 It's not a special gas. This is an older aerial photo
25 of the PG&E Compressor Station. Again, the gas

1 essentially comes in this direction, goes through the
2 compressor engines and pressure is added to the lines
3 and it gets moved along to Northern California and
4 Central California. These are the two cooling towers,
5 basically, that PG&E had operated. We'll discuss a
6 little bit about cooling towers. This is a picture of
7 the newer and replaced cooling towers. And what had
8 happened in the past is PG&E used hexavalent chromium
9 as an anticorrosive agent, anti-saline agent between
10 1951 and 1985. If you can imagine the situation, it's
11 almost like car engine where as you compress gas, the
12 pipeline gets heated up and in order for it to be
13 safely transmitted and also to protect the equipment,
14 the pipeline and gas needs to be cool. And that's
15 what the cooling towers actually do. It actually
16 cools down the gas lines. So, Cr6, what happened?
17 Why did it get in the groundwater? Between 1951 and
18 approximately 1965, PG&E had discharged the spent
19 cooling water directly into a dry wash called the Bat
20 Cave Wash, which is right next to the Compressor
21 Station, and as part of that discharged, eventually
22 the water seeped through the ground and got into the
23 groundwater. So, currently there is a hexavalent
24 chromium plume that is extending from the Compressor
25 Station towards the Colorado River. And here is a

1 diagram of what the plume boundary looks like, the
2 plume as we know it. This is the Bat Cave Wash that
3 discharged, here's the Compressor Station. The water
4 is discharged into this wash and this is the full
5 wash. And here is the location of the hexavalent
6 chromium plume. This is really a vertical projection
7 of the plume, and what I mean by that is that the
8 plume isn't uniform all the way from the top to the
9 bottom. What we've learned from having the wells and
10 monitoring the site is that on the upper portion of
11 the plume floodplain area, which is the sandy portion
12 of the plume, there is no detectable hexavalent
13 chromium, it's all non-detectable. But then, there is
14 a lower portion of the plume that extends under the
15 Colorado River. So, on this particular diagram, it
16 seems like the plume is actually in the river. What
17 we've found clearly is that the plume is about 80 feet
18 from bottom of the river itself. So, at this point
19 we've evaluated the situation in the river and the
20 hexavalent chromium has not impacted the river. Okay.
21 So, what's been happening in the clean-up process
22 itself? Under the Department of Toxic Substances
23 Control, we are the lead agency to investigate and
24 clean up the groundwater plume at the Topock site.
25 And we can breakdown the investigation of the clean-up

1 process into three major steps. First step is, how
2 bad is the site, what is happening there. The second
3 step is how should we clean up the problem. And then,
4 obviously, the third step is to clean-up. Under the
5 Department of Toxic Substances Control, we are
6 investigating cleaning up the PG&E site under the
7 Resource Conservation and Recovery Act. As part of
8 that, each one of those steps are captured in a major
9 document. For step one, how bad is it, all of that
10 information is captured under the RCRA facility
11 investigation report. The second step, how we should
12 it up, that's evaluated in an upcoming document called
13 the Corrective Measure Study Report or, under
14 (inaudible), they call it Feasibility Study. And then
15 finally, the third step is obviously clean it up or
16 implementation. So, let's go over what we've found up
17 to now. The investigation for soil and groundwater
18 really they're designed to determine the type and the
19 extent of contamination of the site. And at this
20 particular juncture, because the close proximity of
21 the plume to the river, the Department has places most
22 of our focus on the groundwater itself, in order to
23 protect the river and also the groundwater resources.
24 Up to now, since 1996, when PG&E had actually signed
25 a consent agreement, PG&E had installed and monitored

1 over 150 groundwater monitoring wells and those are
2 wells were installed at multiple depths at the site,
3 the shallow, mid-zone, as well as the deep-zone, so
4 that we can get a good three dimensional picture of
5 what the plume is like. So far, as I've mentioned, we
6 have a pretty good understanding of the plume. And
7 also, the Colorado River itself is also sampled and
8 monitored at nine different locations. I know there
9 are some concerns about (inaudible) other locations
10 and we will address that in some time. So, that have
11 we found? The groundwater investigation is almost
12 complete. I think we have installed enough wells to
13 know what the plume is doing out there. We know the
14 extent of the Cr6 contamination and what did find also
15 was that the river water has not been impacted. In
16 2004 though, as you may have seen at the site, there
17 is a treatment plant out at the site. The treatment
18 plant was put in 2004 when PG&E installed a new well
19 and they've detected hexavalent chromium approximately
20 60 or 70 feet away from the edge river. The
21 Department, at that time, required PG&E to immediately
22 begin extracting some of the contaminations to protect
23 the river itself. As a result, PG&E had installed a
24 treatment system and they've been extracting the
25 contaminated ground water and the contaminated

1 groundwater is treated in the treatment plan and clean
2 water, which actually meets and/or exceeds the current
3 groundwater condition, is re-injected back into the
4 ground. About 95 percent of the water is re-injected,
5 so we're not losing a whole lot of water, a natural
6 resource of the area. Up to now, since 2004, PG&E has
7 extracted approximately 200 million gallons of
8 contaminated groundwater and recovered over 4,700
9 pounds of chromium. So, up to now, I've talked a lot
10 about the groundwater, but what about soils. We know
11 that PG&E had operated sites (inaudible). PG&E had
12 actively identified 29 areas that they need to
13 investigate for potential surface or subsurface
14 contamination due to the (inaudible). And PG&E has
15 actually submitted a couple of work plans to do those
16 investigations. Those work plans are currently being
17 evaluated and pending approval by the agencies. Going
18 back to the groundwater, the final groundwater and
19 soil clean-up technologies will be evaluated, as I
20 mentioned earlier, in the Corrective Measure Study
21 Report and the technology itself will be evaluated
22 (inaudible). At the same time, the impact from those
23 technologies will also be evaluated under the
24 Environmental Impact Report, which is why we're here.
25 We want to get some of feedback from you guys about

1 what should go into the Environmental Impact Report.
2 Finally, the third step is once we have completed our
3 investigation, once we've evaluated technology, the
4 Department will choose a final remedy for both the
5 soil and groundwater. But we will chose that remedy
6 only after we've gong through a public input process
7 which is hearing, considering all the comments
8 received during that time. After the remedy is
9 selected, then the Department will (inaudible) that
10 remedy. So that, in a nutshell, is what the clean-up
11 process moving forward is like and what has been done
12 at the site up to now. At this particular point, I'm
13 going to turn the presentation over Bobbette. She's
14 going to talk a little bit about the CEQA process.

15 **MS. BIDDULPH:** Thank you, Aaron. Thank you all for coming.
16 Before I get into the presentation very deeply, one of
17 the things that I'd like to emphasize today is that
18 although PG&E and DTSC have been looking at the site
19 and the contamination for quite sometime, we're really
20 just at the beginning of the environmental review
21 process under the California Environmental Quality
22 Act. So, this is really the first of many
23 opportunities to provide input to that process and to
24 ask questions as we move forward and get into more
25 detail in our analysis. But we're really just

1 beginning. Now, an Environmental Impact Report, or
2 also referred to as an EIR, is required for the clean-
3 up project of both the groundwater and the soils
4 contamination. And that's because as a state agency,
5 DTSC is required to prepare such a document under the
6 California Environmental Quality Act for any project
7 that might have a potential to significantly affect
8 the environment, that is significantly change any of
9 the environmental resources in the area. The EIR, as
10 Aaron talked about, both the groundwater and soils
11 issues at the property, the EIR will address both of
12 those items, the clean-up of the groundwater
13 contamination, as well as the cleanup of the soils at
14 the site. And also Aaron mentioned, basically the
15 Environmental Impact Report will be an analysis of the
16 alternative approaches to that clean-up, which are
17 going to be described in the Corrective Measures
18 Study, also known as a Feasibility Study. Now,
19 there's been a lot more focus on the groundwater
20 issues because clearly there's more an immediacy to
21 the groundwater contamination. So, DTSC and PG&E are
22 going to know a lot more about how to address the
23 groundwater contamination. So, the environmental
24 analysis is going to look at those approaches in a
25 very detailed manner in the EIR. For the soils

1 contamination, we might not know quite as much at the
2 time that the EIR is published. We're going to do our
3 best and because we might take a broader approach to
4 the clean-up of the soils contamination, this
5 environmental analysis in that regard is known as a
6 Program EIR, and what that means is that there's a
7 broader approach taken and that further analysis might
8 be necessary to actually do the specific clean-up for
9 the soils and what will happen is future environmental
10 analysis for that soils clean-up will tier off of this
11 Environmental Impact Report that we're preparing, but
12 that's just for the soils contamination. For the
13 groundwater contamination, we're expecting to have all
14 of the details necessary. This is just really laundry
15 listing of some broad environmental topics that will
16 be addressed in the Environmental Impact Report. This
17 is what we call a Full Scope Environmental Impact
18 Report, that means that we're planning on addressing
19 every environmental topic that we can think of and
20 that might be potentially be affected by the clean-up
21 activities. What we're interested in hearing today is
22 whether we've missed anything in this laundry list or
23 whether there are specific questions or specific
24 issues under come of these categories. As well, the
25 state law, CEQA, requires that several other items be

1 addressed in the EIR. The first on this listing is
2 alternatives to the project, and that's basically
3 different approaches that might be taken that might
4 avoid significant impacts to the environment that
5 might actually reduce potential impacts to the
6 environment. So, in this case, there could be
7 several, and will be several, different clean-up
8 options that are going to be evaluated and compared in
9 the EIR and that's one of the things that we're
10 interested in getting some feedback on. I know we've
11 gotten some good feedback at some of the other
12 meetings about have you thought of this approach to
13 cleaning up that groundwater and getting that input
14 really helps us make sure, and DTSC and PG&E, that we
15 thought about all the possible alternatives to
16 cleaning up this groundwater plume. And then, in the
17 environmental document, we'll look at the pros and
18 cons and weigh those different alternatives and which
19 ones might cause fewer environmental issues, which
20 ones cause the most, are there other feasibility
21 issues associated with those alternatives. As well,
22 the document will summarize and look at impacts that
23 we have found to not be of issue or to not be
24 significant, but it's just not going to be a dismissal
25 of impacts. Anytime we make that conclusion, we will

1 backup that conclusion and provide the analysis that
2 shows why we've come to that conclusion. If there are
3 any significant and unavoidable adverse affects, that
4 means that in order to clean-up the groundwater or the
5 soils, we need to do some things that we just can't
6 think of a way to mitigate or to avoid that
7 environmental impact, we will disclose that and talk
8 about that in this analysis. As well, what's very
9 similar is significant irreversible changes, where if
10 you were to implement the project, something that
11 would change that we can't remedy. Another
12 requirement in the state law is growth-inducing
13 affects, that's usually thought of when we have
14 development projects. I'm guessing that it probably
15 won't be an issue for this particular project but we
16 will think about that. We haven't yet done the
17 analysis so we will think about whether or not this
18 project would cause growth in either housing or
19 population. And the final one, which is a really
20 important one is what's known as a cumulative impact.
21 And what a cumulative impact is, is thinking about
22 other projects that either have occurred or are going
23 to occur potentially at the same time as the proposed
24 clean-up and thinking of those projects in combination
25 with the proposed clean-up activities and thinking

1 about whether or not if you combine the affects of all
2 of those multiple project whether or not you might
3 have an impact that you wouldn't have had if you were
4 just thinking about your project in isolation. Now,
5 as I mentioned, we're kind of at the beginning of this
6 process. We're scoping, trying to get input on all of
7 the issues and the level of detail that we need to
8 think about in our analysis. And we're clearly going
9 to be using a lot of sources to conduct that analysis
10 and to think about those potential affects. Obviously
11 we're going to use published information and reports
12 to the extent that we can. PG&E and DTSC have done
13 quite a bit out of the site, not only for the
14 hazardous materials and monitoring of the groundwater,
15 but there is also sustained information on biological
16 resources and some on cultural resources. We're going
17 to be looking throughout the process for input from
18 agencies that govern some of those different
19 resources. And we also, throughout the analysis
20 process, are going to be looking to get input from
21 tribal members and to really gather information about
22 the resources that are and could be affected by these
23 clean-up activities. In addition, I think it probably
24 goes without saying, but where those other materials
25 don't do it all, we'll also be doing additional site

1 specific analysis and research. For instance, there
2 might be a need to do some additional biological
3 survey work to make sure we have all the information.
4 Now, this chart is a very simplified chart of where we
5 are in the process and this column with the orange
6 squares here showing where we're going to publishing
7 fact sheets. There's one out at the table. The blue
8 diamonds in that row, that shows where we're going to
9 have public meetings, and the bottom row is when we're
10 going to be positing additional information in several
11 of our information repositories, which Jeanne's going
12 to talk about a little later one. But I just mostly
13 wanted to point out that we're kind of at the
14 beginning of the process in terms of getting input.
15 We'll be doing that analysis, gathering input from the
16 tribes as we're analyzing the potential for impacts.
17 And then, in the Winter of 2010, we're anticipating to
18 be complete with a draft environmental analysis, the
19 draft Environmental Impact Report. And at that time,
20 we'll have another opportunity for public meetings.
21 As well, comments can be made on that draft document.
22 It's not a final document. Comments can be made on
23 the adequacy, whether there are questions about the
24 analysis that we've prepared and there'd be a 60 day
25 comment period of that draft document. Once we get

1 those comments in on that draft document, then our job
2 will be to prepare the final document. The final
3 document includes not only copies of the written
4 comments that we've received, but we're required to
5 also respond to those comments in writing and if there
6 are potential changes or refinements to the draft
7 analysis, then we would also make those in this final
8 document and that's known as the Final Environmental
9 Impact Report. So, there will also be a public
10 process when that final document is prepared. Now,
11 this is kind of a repeat, but I just wanted to talk a
12 little again about the purpose of the meeting and why
13 we're here. We're looking to get that initial input
14 on what the scope of the analysis is for the
15 Environmental Impact Report, so what are the things
16 that we need to be considering, what are the things
17 that we need to look at in that analysis. We realize
18 that we haven't provided a lot of detail on the actual
19 approach to be used for the clean-up of the
20 groundwater and that's because we're still studying
21 that and there's acknowledgment that we really are at
22 the beginning of the process and different
23 alternatives are being evaluated. And in fact, unlike
24 some environmental documents, those different
25 alternatives are actually going to be evaluated at an

1 equal level in the environmental analysis. But you
2 might have ideas for mitigation measures or for
3 approaches that are preferable that might avoid
4 affects to cultural resources or other environmental
5 resources and as well, if you just have questions for
6 us on the project and on the different clean-up
7 technologies or clean-up approaches that might be
8 used, those types of questions, while we might not be
9 able to fully answer them today, it will help us to
10 know what we need to answer in the Environmental
11 Impact Report. You probably can't read this very
12 well, but this basically just a summary of the
13 different scoping meetings that we have had. We're
14 actually at the last of five scoping meetings. We've
15 had also one in Palm Desert, Yuma, Needles, and Lake
16 Havasu City. And as Jeanne said, there's several ways
17 that you can provide comments to us. You can provide
18 them today or tonight just by speaking them. You can
19 provide them in writing and that can be handwritten or
20 you can go home and type up a letter on your computer,
21 send an email, really, any way that you can get those
22 comments to us. But the hope is that you can have at
23 least those initial comments to us in response to this
24 initial scoping effort to us by July 1st. With that,
25 I'll turn it back over to Jeanne.

1 **MS. MATSUMOTO:** Thank you. For more information about this
2 project, you can contact Aaron, he would be the first
3 one, or myself. We also have a Public Information
4 Officer for media contacts, her name is Jeanne Garcia.
5 And we wanted to be sure this information was in your
6 packet that you received today. This site is unique
7 because of its relationship with the Colorado River.
8 So, we have several repositories, and what the
9 repositories are, they are files of documents that are
10 important for this project and you can find these
11 files in the following repositories. There's one at
12 the Needles Public Library, the Chemehuevi Indian
13 Reservation, the Golden Shores-Topock Library, Lake
14 Havasu City Library, Colorado River Indian Tribes
15 Public Library, and then Parker Public Library. Also
16 the complete administrative record is at the Cypress
17 Department of Toxic Substances Control office. In
18 addition to that, there is a website. And this
19 website is kept up-to-date. It has a lot of
20 information on it. It has a complete library of
21 project documents, also a nice sidebar on the main
22 page to mention what's new and what's going on. So, I
23 recommend going to the website and that will be in
24 your packet because if I saw it up on the slides, I
25 would forget. At this time, we would like to take

1 comments. And again, if you have a comment, you don't
2 have to stand up, you can stay in your chair. This is
3 such a nice small group, but we would appreciate your
4 name just for conversational purposes. And let's see.
5 Yes, sir?

6 **MALE:** My name is (inaudible) and I'm with the (inaudible)
7 Attorney's Office. And I just simply wanted to thank
8 DTSC for allowing an additional 30 days review and
9 also for the preparation of comments. I know that's
10 very helpful (inaudible) my office (inaudible). We
11 will be submitting formal comments (inaudible).

12 **MS. MATSUMOTO:** We look forward to your comments. And are
13 there any other comments? Written is good. You know
14 I would put mine in writing. Yes? You don't have to
15 stand up.

16 **FEMALE:** I will.

17 **MS. MATSUMOTO:** Okay.

18 **FEMALE:** My name is -- with the Fort Mojave Indian Tribe
19 and I just want to enter into the record the statement
20 of the Fort Mojave Indian Tribe concerning this
21 meeting and it's a short one, so I'll read it so you
22 have something to record on your recorder. It says,
23 "I'm here to today to express deep concern for the
24 area in which you intend to evaluate the environmental
25 impacts of this project as part of the approval

1 process to select a final clean-up remedy. First of
2 all, the Fort Mojave Indian Tribe has been a part of
3 this area since time and memorial. We are the Aha
4 Macav, the people on the river. We are a living
5 culture and caretaker of this land given by the
6 creator, Mutavilya. For many generations, these oral
7 traditions were handed down and passed on to the
8 leadership of the different clans that make up the Aha
9 Macav. During the early years before the white man
10 came, we were an intrical part of this region,
11 extending from north, south, east, and west. This was
12 our territory and traditional homeland. Today, most
13 of that tribal area has been reduced to what we have
14 today, 48,000 acres of land located in three states,
15 California, Arizona, and Nevada. We have many areas
16 of cultural and spiritual connections, all up and down
17 this valley. Much of the land is now owned or managed
18 by federal agencies, state and individual land owners.
19 Many historic and prehistoric places exist within the
20 area you are talking about for this particular clean-
21 up to be occurring. Our beliefs define who we are and
22 how we continue to exist as a people. Our affiliation
23 with the land, air, and most importantly the water,
24 know to the many as the mighty Colorado River, is the
25 lifeline to millions who depend on this water to

1 exist. We are here today to state that the protection
2 of the river is first, the number one concern to our
3 tribe and many tribes downstream of the area mentioned
4 in the clean-up of Topock. Second, the area is sacred
5 to the Mohave people and other tribes and cabinet and
6 infinite and content connection to this sacred area
7 also. We must ensure that this EIR includes a
8 thorough cultural ethnographic study; this will
9 further protect the area from desecration. If you
10 were to look on a map, you would see the areas of
11 cultural and sacred sites significant to our people.
12 This area is critical to our beliefs, especially when
13 we pass from this world to the afterlife. This area
14 should be treated with respect and acknowledged for
15 what it is, sacred in its entirety, not picked apart
16 as most archeologists see things when an area has been
17 experienced by some fire disturbances. The Fort
18 Mojave Tribe has been a participant in this process
19 since first contacted in July of 2004 by the Bureau of
20 Land Management. We were informed of actions which
21 were never previously brought to our attention, in
22 light of the fact that DTSC and DOI were under an
23 order, known as a Notice of Exemption, which was an
24 emergency action. Since that first notification and
25 meeting with the affected tribal governments, we

1 attempted understate federal law to consult with the
2 regulatory agencies to find out what was going on out
3 there and to get up to speed with this complex
4 process. We were never brought in or advised of the
5 actions taking place. We were viewed more as a
6 hindrance instead of tribal governments with equal
7 responsibility to be consulted with on a government to
8 government relational basis. The federal agencies who
9 are involved, Bureau of Land Management, U.S. Fish and
10 Wildlife, Bureau of Indian Affairs, Bureau of
11 Reclamation, and the Environmental Protection Agency
12 are equally responsible to our tribal governments
13 based on their obligations as our trustee to uphold
14 and protect the tribal interest. To date, this Notice
15 of Exemption justified a water treatment facility that
16 was constructed directly in an area of cultural and
17 sacred sites. The federal governments trust
18 responsibility to see that the concern and interests
19 of the tribes involved are protected and are managed
20 with proper consultation, are still in our estimation
21 nonexistent and a reminder of injustices of the past.
22 If this clean-up is to take place, this tribe and
23 other tribes along the Colorado River have to have a
24 seat at the table, one of respect and comity and of
25 true consultation based on our concerns and guiding

1 principles. To reiterate our position, we are not
2 just special interest groups. We are a tribal
3 government who has equal footing in this matter of
4 clean-up and a final remedy determination with our
5 interests protected and acknowledged by the regulatory
6 agencies who are responsible under federal law and
7 settlement agreements to consult with our tribal
8 governing body to protect our cultural and sacred
9 sites within this area of clean-up. For the purposes
10 of providing comments for this forum, this is a
11 summary of comments on behalf of the Fort Mojave Tribe
12 and further defined detailed written comments will be
13 forthcoming for the record. We wish to inform you
14 that we are hosting a forum for tribal member
15 participation on our reservation. We would like those
16 comments incorporated into this record for defining
17 the scope of the EIR and the interests of the Fort
18 Mojave Tribe." Thank you.

19 **MS. MATSUMOTO:** Are there other comments? Okay. At this
20 time, we will close the comment portion of the meeting
21 and we are here for questions.

22 --oOo--

23 - MEETING ADJOURNED -

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TRANSCRIBER'S CERTIFICATION

This is to certify that I, Kelli Wells,
transcribed the digitally-recorded public meeting of the
California Environmental Protection Agency, Department of
Toxic Substances Control, dated June 5, 2008; that the
pages numbered 1 through 27 constitute said transcript;
that the same is a complete and accurate transcription of
the aforesaid to the best of my ability.

Dated July 2, 2008.



Kelli Wells, Transcriber
Statewide Transcription Services